

Verbatim Transcript of Monthly Council Meeting
Washington State Energy Facility Site Evaluation Council

October 15, 2019

Corrected



206.287.9066 | 800.846.6989

1325 Fourth Avenue, Suite 1840, Seattle, Washington 98101

www.buellrealtime.com

email: info@buellrealtime.com



WASHINGTON STATE
ENERGY FACILITY SITE EVALUATION COUNCIL

MONTHLY COUNCIL MEETING
Verbatim Transcript of Proceedings

REPORTED BY: JORI L. MOORE, CCR, RPR

DATE: OCTOBER 15, 2019

Page 2

1 A P P E A R A N C E S

2 Council Members:

3 Kathleen Drew, Chair
4 Stacey Brewster, Utilities & Transportation Commission
5 Dan Siemann, Department of Natural Resources (phone)

6 Assistant Attorney General:

7 John Thompson

8 Council Staff:

9 Sonia Bumpus
10 Ami Kidder

11 Kyle Overton
12 Joan Aitken

13 Amy Moon
14 Patty Betts

15 In Attendance:

16 Eric Melbardis, Kittitas Valley (phone)
17 Jennifer Diaz, Wild Horse (phone)
18 Chris Sherin, Grays Harbor Energy (phone)

19 Mary Ramos, Energy Northwest
20 Tammy Mastro, EFSEC

21 Debbie Barnes, Energy Northwest
22 Mark Sullivan, Security

23 Bill Shermin, Counsel for Environment
24 Kara Warner, Coulter Associates

25 Kelly Rae, Energy Northwest
26 Steven Williams, Emergency Management Division

27 Lynn Albin, Department of Health

28

29

30

31

32

33

34

35

1 RICHLAND, WASHINGTON: OCTOBER 15, 2019.

2 1:30 P.M.

3

4 -o0o-

5 P R O C E E D I N G S

6

7 CHAIR DREW: Good afternoon. This is
8 Kathleen Drew. Before -- chair of the Energy Facility
9 Site Evaluation Council. Before I open the meeting,
10 I'd like to have a couple of announcements. One is we
11 don't have microphones in this room, so I would ask
12 everybody to use your best voice to project so that
13 those who have called in can hear what we're saying.

14 Secondly, with us is Debbie Barnes, and she is
15 going to give us a safety briefing.

16 Ms. Barnes.

17 MS. BARNES: Hi. For any of those of you
18 who are not familiar with our building, if -- in the
19 event of any kind of emergency or building evacuation
20 alarm, you can exit through these doors over here.
21 Take a left and then a right. It's pretty obvious.
22 You go past the restrooms, and there's a stairwell
23 with an exterior entrance. Then you would go outside
24 the building and gather to the left. There's a big
25 gravel open parking lot where all of the Energy

Page 4

1 Northwest people gather in the event of a building
2 evacuation.

3 If there's any kind of first aid or other
4 emergency, we have first aid supplies in the kitchen
5 just immediately through the double doors, and there's
6 an AED device on the second floor by the elevator, by
7 the lobby elevator.

8 So if there's any other questions --

9 UNIDENTIFIED SPEAKER: Ms. Debbie.

10 MS. BARNES: Yes.

11 UNIDENTIFIED SPEAKER: I'll take
12 responsibility for calling 911 or 222, if needed.

13 MS. BARNES: Thank you very much.

14 UNIDENTIFIED SPEAKER: You're welcome.

15 CHAIR DREW: Okay. Thank you, Ms. Barnes.

16 MS. BARNES: You're welcome. Thank you.

17 CHAIR DREW: So at this point, I'll call the
18 meeting to order.

19 Ms. Mastro, will you call the roll?

20 MS. MASTRO: Department of Ecology.

21 CHAIR DREW: ~~Absent.~~ Excused.

22 MS. MASTRO: Department of Fish and Wildlife.

23 CHAIR DREW: I believe he's --

24 MS. MASTRO: Chair Drew, can you hear me okay?

25 CHAIR DREW: I can hear you, and I believe

1 that Mr. Livingston is going to try to call in, but
2 had a conflict of a meeting.

3 MS. MASTRO: Okay. Department of Natural
4 Resources.

5 MR. SIEMANN: Dan Siemann is on the phone.

6 MS. MASTRO: Utilities and Transportation
7 Commission.

8 MS. BREWSTER: Stacey Brewster here.

9 MS. MASTRO: Thank you, Chair.

10 CHAIR DREW: Since at this point we don't have
11 a quorum, we will skip the minutes from the last
12 meeting and add it to our business at our next
13 meeting, but we do not have action plan for this
14 meeting. And I do know that -- I believe that
15 Mr. Siemann and Mr. Livingston will both join us on
16 the tour tomorrow.

17 So at this point in time, I will ask, first of
18 all, if there's anyone else on the phone who would
19 like to introduce themselves.

20 MR. SHERMAN: It's Bill Sherman from the
21 Attorney General's Office as counsel for the
22 Environment.

23 MS. WARNER: This is Kara Warner with
24 Golder Associates and a consultant for EFSEC.

25 And I just like to note that the announcement

Page 6

1 from Ms. Barnes and the response from, I believe, one
2 of the council members was quite difficult to hear on
3 the phone, so, yeah, I appreciate the request to speak
4 up.

5 CHAIR DREW: Thank you.

6 MS. DIAZ: Jennifer Diaz, Puget Sound Energy,
7 Wild Horse Wind Facility.

8 CHAIR DREW: Okay. We're moving on now to our
9 first item on the agenda, projects.

10 Kittitas Valley Wind Project, Mr. Melbardis.

11 MR. MELBARDIS: Good afternoon, Chair --

12 CHAIR DREW: There you are.

13 MR. MELBARDIS: Good afternoon, Chair Drew,
14 EFSEC council. For the record, this is Eric Melbardis
15 with EDP Renewables for the Kittitas Valley Wind Power
16 Project.

17 For the period, we had nothing nonroutine to
18 report.

19 CHAIR DREW: Okay. Thank you.

20 Moving on to the Wild Horse Wind Power
21 Project, Ms. Diaz.

22 MS. DIAZ: Yes. Thank you, Chair Drew and
23 council members and staff. For the record, this is
24 Jennifer Diaz with Puget Sound Energy at the Wild
25 Horse Wind Facility.

1 And I also have nothing nonroutine to report
2 for the month of September.

3 CHAIR DREW: Okay. Thank you.

4 Chehalis Generation Facility, Mr. Miller --
5 Mr. Overton.

6 MR. OVERTON: This is Kyle Overton, EFSEC site
7 specialist for Chehalis Facility.

8 Outside of the inspection that was conducted
9 by a representative from the United States EPA for the
10 wastewater program at Region 10, there was no
11 nonroutine items to report. There was no major
12 deficiency noted during that inspection, and a report
13 is expected in the upcoming weeks.

14 CHAIR DREW: Thank you.

15 Desert Claim, Ms. Moon.

16 MS. MOON: Good afternoon, Council Chair Drew
17 and council members. As Chair Drew said, I'm
18 Amy Moon, and I will provide an update for the
19 Desert Claim Project.

20 In September, EFSEC received the final
21 cultural resources monitoring and mitigation plan for
22 the Desert Claim Wind Power Project, and in addition,
23 the U.S. Army Corps of Engineers issued a Nationwide
24 Permit 14, also known as an NWP 14 or linear
25 transportation projects. And EFSEC is issuing a

Page 8

1 letter stating the project meets the requirements for
2 Washington State for one water quality certification
3 under Nationwide Permit 14, and that was -- we worked
4 with the Department of Ecology on the water quality
5 certification portion.

6 Do you have any questions?

7 CHAIR DREW: Are there any questions for
8 Ms. Moon?

9 Thank you.

10 Grays Harbor Energy Center.

11 MR. SHERIN: Good afternoon, Chair Drew,
12 council members. This is Chris Sherin, the plant
13 manager from Grays Harbor Energy Center.

14 For the month of September, the only
15 nonroutine items we have to report are we submitted
16 our relative accuracy test audit results to EFSEC, and
17 we also -- our annual inspection by the State Fire
18 Marshal's Office was conducted in October of -- or,
19 excuse me, it was scheduled for October.

20 CHAIR DREW: So that will be part of next
21 month's report?

22 MR. SHERIN: Correct.

23 CHAIR DREW: Okay. Thank you.

24 WNP-1 and -4, Ms. Ramos in person.

25 MS. RAMOS: So good afternoon, Chair Drew,

1 council members and staff.

2 Can everybody hear me okay on the line?

3 Okay. Good afternoon, Chair Drew, council
4 members and staff. My name is Mary Ramos. On behalf
5 of the many Energy Northwest team members in
6 attendance today, we welcome you to Richland. Thank
7 you very much for your visit. We're looking forward
8 to showing you around Columbia Generating Station and
9 WNP-1 and -4 tomorrow. And with that, I will now
10 provide the monthly update.

11 So for WNP-1 and -4, there are no updates to
12 report for the month of September.

13 And for Columbia Generating Station, I have
14 three updates. First is regarding our spill control
15 plan. The Columbia spill control plan was revised and
16 submitted to EFSEC, and the plan revision incorporates
17 changes requested by EFSEC and satisfies requirements
18 under our NPDES permit.

19 The next update is regarding our annual air
20 report. Per EFSEC Order 873, Energy Northwest
21 submitted the annual report covering diesel generator
22 run-time and boiler fuel consumption.

23 And the last update I have for Columbia is
24 regarding our fire inspection. Energy Northwest
25 submitted additional information to EFSEC and the

Page 10

1 Washington State Fire Marshal regarding the range hood
2 ventilation. We're also working with Amy Moon to
3 schedule the next fire inspection.

4 CHAIR DREW: Thank you very much.

5 MS. RAMOS: And with that, I'll turn it over
6 to Kelly Rae who will provide an overview of Columbia.

7 CHAIR DREW: May I ask, Ms. Aitken?

8 MS. AITKEN: Yes.

9 CHAIR DREW: Would you please help by moving
10 the telephone closer to those who are presenting? I
11 think that would make it easier for people to hear.
12 I'm not sure, I may actually need that --

13 MS. AITKEN: Okay.

14 CHAIR DREW: -- microphones.

15 So if we can adjust a little bit, then people
16 online will be able to hear the presentations better.

17 I would also say that the presentations for
18 those of you who are online are on our website, so you
19 can follow along there as well. Okay.

20 MS. RAE: So thank you, Chair Drew and council
21 members and staff. Thank you for the invitation for
22 having us come and talk about Energy Northwest and
23 Columbia Generating Station.

24 I am with Energy Northwest public affairs, and my
25 name is Kelly Rae. I have been with the company about

1 five years, and I'm responsible for public relations
2 and internal communications outreach. And I'm going
3 to be giving you a high-level overview of a couple of
4 topics that you were interested in, a little bit about
5 Columbia's history, our current operations licensing,
6 how we make electricity, our environmental permits,
7 and our emergency preparedness program, and about our
8 tour policy. So I will begin.

9 CHAIR DREW: May I pause for just a second?
10 May I ask those on the phone, are you hearing this
11 presentation clearly?

12 UNIDENTIFIED MALE SPEAKER: Yes.

13 CHAIR DREW: Thank you.

14 UNIDENTIFIED FEMALE: Yup.

15 UNIDENTIFIED MALE SPEAKER: Yes.

16 CHAIR DREW: Okay.

17 MS. RAE: Okay. So Energy Northwest is an
18 independent joint action agency established by our
19 state legislator^{ure}~~er~~ in 1957 to aggregate the needs of
20 public power, both small and large, and we work
21 together with our members, the 27 public power
22 utilities that you see here, to develop at cost energy
23 resources, and we serve more than 1.5 million rate
24 ~~payers.~~ ^{payers.}

25 So today Energy Northwest owns and operates

Page 12

1 hydro, solar, nuclear, and wind facility^{ies}. We own and
2 operate the White Bluffs Solar Station, which is about
3 ten miles north of Richland, located next to Columbia
4 Generating Station. We operate and own the Packwood
5 Lake Hydroelectric Project, which is in Western
6 Washington near Mount Rainier, on Packwood Lake, the
7 Nine Canyon Wind Project, which is on the south hills
8 of Kennewick, and the Columbia Generating Station,
9 about ten miles north of Richland. And we also
10 operate and maintain the Portland Hydroelectric
11 Project and the Tieton Hydroelectric Project.

12 So today our generation projects all have a
13 total capacity of about 1385 megawatts. And this
14 diverse carbon-free electricity is both great for grid
15 stability and reliability, but also good for our
16 environment.

17 So a quick history on Columbia. So in the
18 early '70s, we were constructing five nuclear
19 facilities, three in Eastern Washington and two in
20 Western Washington near Satsop. So as you might be
21 aware, only one of those projects were completed.
22 Project 1, which was next to Columbia, was mothballed
23 in 1982, followed by Project 3 in Grays Harbor County
24 a year later, and in 1983, a stop work was issued on
25 Projects 4 and 5.

1 The story improves after that. We completed
2 construction of Columbia Generating Station, or
3 Project 2, and it came online in 1984, December, so we
4 have been operating for 35 years.

5 The photo on this right is a photo from -- of
6 former State Secretary of Transportation and
7 Congressman Sid Morrison, who currently chairs our
8 executive board. And our executive board was formed
9 by the state legislator^{ure}~~or~~ in the wake of the bond
10 default to be the policy and the budget oversight arm
11 of our agency. We have an 11-member executive board
12 with three members selected by or appointed by the
13 governor of Washington, and we have a 27-member board
14 of directors with members selected from those member
15 utilities.

16 So Columbia is a general electric boiling
17 water reactor, as I said, operating for 35 years. The
18 Nuclear Regulatory Commission issued a standard
19 40-year operating license in December of 1983. And as
20 I mentioned, Columbia came online and began producing
21 power in 1984. In 2010, we submitted Columbia's
22 application to the NRC for a license renewal for an
23 additional 20 years, and then in 2012, the NRC
24 approved Columbia's license renewal, extending our
25 operation from 2023 to 2043.

Page 14

1 Now, the station's output is about
2 1207 megawatts electric, which is approximately
3 10 percent of the electricity used in Washington.
4 It's the third largest generator of electricity in the
5 state, just behind the Grand Coulee Dam and Chief
6 Joseph Dam, and enough power to power the size of a
7 city about the size of Seattle, a little of its metro
8 area.

9 So it's a base-load energy. It's running
10 24/7, and since 2012, we performed at an average
11 capacity factor of 92 percent, which means capacity
12 factor is the amount of electric the power plant
13 produces compared to its operational potential. And
14 so for comparison, capacity factors for coal plants is
15 approximately 55 percent, 40 to 50 percent for hydro,
16 30 for wind, and 25 for solar.

17 And so we shut down once every two years for a
18 refueling and maintenance outage where we add new fuel
19 and replace and upgrade equipment, and so our most
20 recent outage was in May, and our next refueling and
21 maintenance outage will be in 2021.

22 So these are Columbia's annual generation
23 records. We're very proud of these megawatts. Our
24 generation performance has improved following every
25 refueling in the last ten years, and we have increased

1 our capacity with an additional 20 megawatts as a
2 result of planned maintenance and upgrade work.

3 In 2018, Columbia Generating Station produced
4 9.7 million megawatt hours, which is more clean energy
5 than we've ever produced before in our history, and
6 then in fiscal year '19, which ended end of June,
7 Columbia set a new generation record for refueling
8 outage year with 8.8 million megawatt hours of
9 electricity to the grid.

10 So here is how we make those millions of
11 carbon-free megawatts. This is the basic steam cycle
12 for a boiling water reactor. The nuclear energy comes
13 from splitting uranium atoms in a reactor to heat
14 water into steam to turn a turbine and generate
15 electricity. It's about as simple as I can make it.
16 So water is boiled in the reactor vessel producing
17 steam, which is directed to four turbines, one high
18 pressure and three low pressure, and then that steam
19 is condensed back into water for reuse in the reactor.
20 The power that that water and steam that turn the
21 turbine in the generator produces, it's sent out to
22 the grid and distributed by the Bonneville Power
23 Administration.

24 On a separate loop, on the right hand side in
25 green is the cooling water. We pump in water from the

Page 16

1 Columbia River, and the water passes through our
2 condenser tubes to cool the steam back into water, and
3 then it goes out through our six cooling towers. So
4 the plume that you can see off in the distance is
5 water vapor or, as my kids call it, mom's work cloud.

6 Okay. So we begin with the fuel pellet, and I
7 brought one here today. So Uranium-235 is an abundant
8 metal. It's full of energy, and one pellet creates as
9 much energy as one ton of coal, 149 gallons of oil,
10 17,000 cubic feet of natural gas, and we put about --
11 we put 405 -- we, but 405 pellets are put into a fuel
12 rod. And that's what's shown here on the second from
13 the left. There's 92 fuel rods that are put together
14 to form a subassembly or a bundle. Four bundles are
15 inserted into a fuel channel creating a fuel assembly,
16 and there's 764 fuel assemblies in our reactor core.
17 Each of those fuel assemblies is about 14 feet tall,
18 and there's 28 million of these fuel pellets in our
19 reactor. About four of these pellets could power an
20 average home for an entire year.

21 So here's what our reactor vessel looks like,
22 here's where the magic happens. Operates at about
23 1,000 pounds of pressure, 75 feet tall, surrounded by
24 nine-inch thick steel walls. The water comes in
25 through the bottom, and it goes up through the core.

1 The fuel is covered with water, which is, I mentioned,
2 boiled to create steam with the nuclear chain reaction
3 to create heat. The steam enters the moisture
4 separator, which is shown in blue. And it's, at that
5 point, about 10 percent steam and 90 percent water.
6 And it goes -- as it goes through the moisture
7 separator, it becomes 90 percent steam and 10 percent
8 water. And then it enters the steam dryer, shown in
9 green, where the steam continues, but the water is not
10 able to continue that way. It drops down to be
11 ~~recalculated~~ ^{recirculated} through the core. And when the steam
12 exits the steam dryer, it's about 99 percent pure
13 steam before it goes to the turbine.

14 And here's an image of our reactor building
15 containment structure. The reactor core is shown in
16 orange. Primary containment, which is that kind of
17 ketchup bottle shape, is our dry well which is
18 designed to protect and contain the reactor and the
19 fuel, and when we're operating, no one enters this
20 area.

21 Secondary containment is the building. It's
22 designed to surround the primary containment and
23 prevent radiological release. The top floor, in gray
24 at the top, is the refueling floor and where our new
25 fuel pool is, which I will talk about next.

Page 18

1 Okay. So used nuclear fuel, always a popular
2 topic. We safely store all of Columbia's used fuel
3 on-site, either in our used fuel pool to the image on
4 the right and in our aboveground storage, which is on
5 the left.

6 So people often confuse Columbia with Hanford
7 Nuclear Defense Waste. So if there's one thing to
8 take away from today, which you could help me with, is
9 that we're not Hanford. We lease land from the
10 Department of Energy, but we're not involved in their
11 environmental cleanup efforts, and our used fuel is
12 vastly different. While they have millions of gallons
13 of underground tank waste from weapons production, our
14 used fuel remains in the same solid form than it was
15 when it went into the reactor. There's no visible
16 change. It remains solid.

17 So here's what we do with our used fuel.
18 Every two years when we shut down, we take the oldest
19 fuel out of the core, which is about two-thirds of it,
20 that has been in the reactor for six years, and we
21 move it underwater to our used fuel pool and put new
22 fuel into the reactor --

23 CHAIR DREW: We'll take a few minute pause
24 here while we get the line reconnected.

25 (A short recess was taken.)

1 CHAIR DREW: Please continue.

2 MS. RAE: Okay. So about every few years, we
3 take the used fuel that's been in the used fuel pool
4 and we put it into dry cask storage, and we do this
5 safely underwater and load the fuel assemblies into
6 the canister, and then we pump out the water and put
7 the assemblies inside the steel and concrete
8 overpacked canisters. And we put them on our
9 engineered spent fuel installation pad, which is
10 located adjacent to our facility. We currently have
11 36 casks on our dry storage pad.

12 So we're proud to have a diverse mix of
13 carbon-free resources in our portfolio. And as I
14 mentioned, nuclear is a clean energy,
15 zero-carbon-emitting generator with the lowest carbon
16 footprint of any base load or 24/7 resource. So all
17 resources, even renewable, have a carbon footprint.
18 There's carbon emissions associated with mining
19 uranium for nuclear power, refueling for crude oil and
20 natural gas, fabrication for solar panels,
21 construction and transportation for any kind of
22 operations. But nuclear's carbon footprint is as
23 clean as wind, twice as clean as hydro, and four times
24 cleaner than solar.

25 And so the next two slides are our licenses

Page 20

1 and permits associated with Energy Northwest
2 operations. We're licensed or permitted by numerous
3 federal state and local agencies as they relate to the
4 environment. We have acquired a multitude of permits
5 and licenses and applied for new permits as needed
6 with operational changes. And we work with various
7 agencies, including EFSEC, the Army Corps of
8 Engineers, Washington Department of Natural Resources,
9 and the Washington Department of Ecology, Washington
10 Department of Health, and U.S. National Marine
11 Fisheries Service.

12 Now, switching gears to emergency
13 preparedness. Working in nuclear is unique, in that
14 we have a regular job, our outage job and our
15 emergency response job. The goal of our emergency
16 preparedness program is to protect the health and
17 safety of the public, and we do this by operating
18 safely and preventing emergency events; identifying,
19 classifying, and mitigating emergency events;
20 notifying off-site agencies, which is Benton and
21 Franklin Counties, Washington State emergency
22 operations, and the Department of Energy emergency
23 operations; and then recommending protective actions
24 when needed.

25 The map here is our 10-mile emergency planning

1 zone around Columbia Generating Station. The planning
2 zone ensures that emergency management officials can
3 make prompt and effective decisions to protect the
4 health and safety of the public. And for the people
5 who reside in the planning zone, they're educated
6 about how they will be told about an emergency and
7 what to do, and we do this through our emergency
8 calendar. I brought last year's, 2019, calendar.
9 We're in the process of getting the 2021. So I'll
10 share that with you. And in the unlikely event of an
11 emergency, public notifications would be made via 34
12 county-activated sirens, tone alert radios, code red
13 emergency telephone notification system.

14 And as I mentioned, we have emergency response
15 job. So my day job is public relations. My ERO job,
16 or emergency response organization, that's working in
17 the joint information center as a media coordinator,
18 and we practice this several times a year through
19 intensive drills and training exercises. Our ERO
20 consists of about 1,000 employees including licensed
21 operators. Everyone has a role and performs their
22 role, and there's four teams and an alternate team on
23 rotation, and each ERO team drills at least annually,
24 and we're also evaluated on our drills.

25 We staff five primary emergency centers and

Page 22

1 have alternate locations as well, but most
2 importantly, we practice and drill with our off-site
3 agencies, so we have established working relationships
4 and protocol to follow in the unlikely events of an
5 emergency.

6 So in wrapping up, I want to tell you how you
7 can learn more and stay connected with us. So the
8 question I get frequently is do we offer tours, and
9 Columbia is not open to the general public for
10 visiting or for touring. This was a decision made
11 after 9/11 for security control and because we are
12 located on DOE land. Security doesn't allow access to
13 visitors arriving unannounced. They would be turned
14 away at the gate.

15 We do, on occasion, provide limited,
16 prearranged tours for business-related purposes,
17 legislative, and stakeholder groups. And we also have
18 a terrific tour video that's on our YouTube page.
19 It's about 30 minutes long. It's called "Powering Our
20 Clean Energy Future," and I encourage you to take a
21 look at it if you're interested.

22 We also have the REACH Museum Exhibit in
23 Richland where you can learn about nuclear power and
24 more about Energy Northwest for both in an indoor and
25 an outdoor nuclear fountain display we have there .

1 And we participate in a few outreach
2 activities as well. Just last week, I was at an event
3 called the "Energy Experience," where we were there
4 with about 400 middle school students, educating them
5 about different forms of energy, careers in public
6 power. And we did this event at the REACH Museum with
7 several of other local utility groups, so it was
8 pretty great.

9 And so on the next slide, I have my contact
10 information, and if there's anything additional I
11 could provide, I would be happy to do so.

12 CHAIR DREW: Thank you.

13 Are there any questions?

14 Thank you very much.

15 MS. KIDDER: Hello. For the record, my name
16 is Ami Kidder. I am the siting and compliance manager
17 for the Energy Facility Site Evaluation Council, and I
18 just wanted to give those of you who are in the room
19 who are maybe unfamiliar with EFSEC and our
20 relationship with the facility an overview of what we
21 do and what being a facility regulated by EFSEC
22 entails.

23 So EFSEC was formed in 1970 by Senate Bill 49
24 to oversee thermal power plants. The agency was
25 formulated to be a one-stop permitting agency for

Page 24

1 facilities. Typically, when a facility is
2 constructed, they would apply for different permits to
3 construct and operate with different agencies
4 throughout the state or with their local county or
5 city, and EFSEC was created to be sort of an umbrella
6 agency that would issue all the relevant permits for a
7 facility through one agency and through one set of
8 contact to streamline the process. But EFSEC works
9 with several different other state agencies, which
10 I'll get to a little bit more later. We are -- the
11 council is also comprised of members of different
12 agencies as spelled out in our statutes as -- and we
13 work with both the state agencies and the local
14 governments as applicable.

15 Within the EFSEC process, the facility
16 submits -- creates and submits an application, goes
17 through an adjudicative process for some facilities.
18 An expedited process is available for facilities that
19 qualify, and when SEPA was created a little bit later
20 in the '70s, that became part of the EFSEC process as
21 well. All of which culminates in a recommendation by
22 the council to the governor for the final decision.
23 And this final decision preempts all other state and
24 local government decisions.

25 The council membership is comprised of, as I

1 mentioned before, different agencies throughout the
2 state. The chair is appointed by the governor, and
3 current chair is Kathleen Drew. We also have
4 full-time appointees from the Department of Ecology,
5 the Department of Fish and Wildlife, the Department of
6 Commerce, the Department of Natural Resources, and the
7 Utilities and Transportation Commission. And these
8 are all Washington State agencies that are a part of
9 this council, not to be confused with the federal
10 counterparts.

11 When an application for a facility is being
12 reviewed, there are additional seats on the council
13 for local government as well as a port position, which
14 is a nonvoting member. There are additional agencies
15 which do not have a seat on the council full time, but
16 could opt to have a member sit on the council during
17 an application review, and the agencies -- the
18 Department of Agriculture, the Department of Health,
19 the Department of Transportation, and the Military
20 Department can all choose to have a member on the
21 council during an application review if they feel like
22 it is applicable.

23 So the facilities that EFSEC oversees are
24 energy plants, which is defined in our statute to
25 include several different facilities. It includes any

Page 26

1 nuclear power facility where the primary purpose is to
2 produce and sell electricity. We also oversee several
3 other types of facilities. Alternative energy, such
4 as wind, solar, tidal, et cetera, may opt in. Though
5 they are not required by statute to automatically come
6 to us, they have the option to either site through the
7 local jurisdiction or through EFSEC.

8 We also oversee nonhydro, nonnuclear thermal
9 power plants greater than 350 megawatts. So
10 facilities smaller than that, again, would go through
11 the local agencies, but larger than that would come
12 through EFSEC.

13 We also oversee the siting of transmission
14 lines 115 kilovolts or greater, which may opt in.
15 There are also stipulations in our statute where
16 pipelines may be sited through us. These typically
17 would need to be 15 miles or greater, or depending on
18 the pipe size, a certain diameter pipe may fall within
19 our jurisdiction.

20 And we, lastly, would oversee refineries and
21 storage facilities of a certain size, though it
22 depends on the type of fuel at the facility and the
23 quantity, and it varies a little bit based on quantity
24 and site, like I mentioned.

25 EFSEC oversees five operating facilities,

1 which we have heard from earlier today during our
2 monthly updates, as well as three other facilities
3 that are approved but not yet constructed. The Grays
4 Harbor Energy Facility and the Chehalis are natural
5 gas facilities.

6 We oversee two wind facilities, the Kittitas
7 Valley Wind Power Project and the Wild Horse Wind
8 Power Project. Both of those are located in Kittitas
9 County. And, of course, the Columbia Generating
10 Station located here.

11 And there are three facilities yet to be
12 constructed, two wind facilities, Desert Claim in
13 Kittitas County and Whistling Ridge, and the Columbia
14 Solar Facility, which was our first solar facility to
15 go through EFSEC, was approved, but is not yet
16 constructed.

17 So in terms of EFSEC oversight Columbia
18 Generating Station, we received the application for
19 the facility in January 1991.

20 MS. MOON: '71.

21 MS. KIDDER: Oh, my gosh, '71, not '91.

22 Thank you, Ami.

23 And the application was processed, and a site
24 clarification agreement was issued in 1972. There was
25 a site certification amendment issued in September of

Page 28

1 1975, and the facility finished construction and came
2 online in 1984.

3 So regulatory oversight from EFSEC includes
4 compliance monitoring and enforcement. EFSEC monitors
5 projects that have been constructed and under
6 construction for compliance with both their site
7 certification agreement and any issue -- permits
8 issued as a part of required regulations that we work
9 with in coordination -- we coordinate with other local
10 agency and state agencies to ensure all the
11 requirements laid out in Washington regulations and
12 federal regulations are being met.

13 Permits for the Columbia Generating Station
14 include their national pollution -- pollutant
15 discharge elimination system permit, which is
16 currently the application for their renewal permit is
17 being reviewed by EFSEC in coordination with Energy
18 Northwest and Ecology. We oversee air emissions
19 permits, as mentioned earlier. Order 873 regulates
20 diesel-fired combustion turbine units emissions, and
21 Order 874 regulates fugitive radionuclides from the
22 evaporation ponds.

23 And there are several other permits that EFSEC
24 issues or coordinates with the appropriate agencies to
25 ensure compliance with. EFSEC also coordinates with

1 the NRC and other federal agencies such as the Army
2 Corps of Engineers or the National Marine Fisheries
3 Service as applicable.

4 To ensure compliance with regulations,
5 Washington State agencies assist EFSEC in our review
6 and inspection of the facility. We coordinate heavily
7 with Department of Ecology, Department of Health, the
8 Office of State Fire Marshal, Washington State Patrol,
9 Department of Natural Resources, and the Military
10 Department Emergency Management Division. And all of
11 those agencies help EFSEC ensure regulatory compliance
12 for this and other facilities.

13 So are there any questions?

14 CHAIR DREW: Are there any questions?

15 Thank you.

16 MS. KIDDER: Thank you.

17 And now I will turn it over to Steve Williams.

18 Thank you.

19 MR. WILLIAMS: All right. Thank you.

20 Good afternoon. My name is Steven Williams. I'm
21 with the Washington's Emergency Management Division.
22 I am the radiological preparedness program manager for
23 them, and today I'm going to talk a little bit about
24 the off-site emergency preparedness in Washington
25 State as it relates to the Columbia Generating

Page 30

1 Station. And when I say "off site," I'm referring to
2 state agencies and local jurisdictions that are
3 potentially impacted.

4 First, a quick little lesson. Back in 1979, there
5 was a little hiccup at Three Mile Island nuclear power
6 plant that didn't go so well. Following that, some
7 changes were made. One of which was that the present
8 and transferred responsibility for assessing the
9 ability of state and local jurisdictions surrounding
10 nuclear power plants, to protect the public safety and
11 health over to the newly formed federal emergency
12 management agency.

13 Additionally, congress made some changes and
14 improvements upon some of the public law that impacts
15 the ability of nuclear power plants to operate, and
16 they made some changes. After that, the Nuclear
17 Regulatory Commission, which oversees nuclear power
18 plants or, as we say, inside the fence line of nuclear
19 power plant, got together with FEMA, who regulates
20 outside the fence line. And they came up with a joint
21 publication which provided some guidance to the state
22 and local as well as the power plant operators on how
23 to interpret and complete what congress has dictated
24 within public law.

25 FEMA further came up with an additional document

1 called the "REP Program Manual." And when I say
2 "REP," I mean radiological emergency preparedness.
3 That's the program that is around the country around
4 all commercial nuclear power plants. This document
5 provides further guidance to state and local
6 jurisdictions on how to do what they need to do to
7 meet the requirements of the program.

8 The program has been around since 1980. We were
9 first involved in 1983 in the planning with the state
10 as well as the local jurisdictions so that we could be
11 evaluated by FEMA before the power plant came online.
12 The program is pretty stable. It's very mature.
13 However, things do change over time. As an example,
14 following the 9/11 terrorism attacks, they came out
15 and said, No, you now have a requirement to do an
16 exercise within your exercise cycle that addresses
17 hostile-action-based scenarios.

18 We also have had additional requirements placed on
19 us that refer to having a complete separate backup
20 alert and notification system to keep the public
21 informed and notified of what's going on.

22 Within state of Washington, there are three
23 primary state agencies that are involved in the REP
24 program: Emergency Management Division, my
25 organization, we are the lead coordinating agency for

Page 32

1 the state. We also operate the State Emergency
2 Operations Center, and we interface with FEMA and
3 other federal agencies for additional support should
4 something happen and we need assistance; the
5 Department of Health who, as our radiation subject
6 matter expert, makes their independent assessments and
7 makes their recommendations to the state and local of
8 what should occur in order to protect the health of
9 the public; and then the Department of Agriculture
10 whose focus is on food safety as well as the
11 agricultural economy of the State of Washington. This
12 is particularly sensitive since five of the six top
13 agriculture-producing counties in the state fall
14 within 50 miles of the nuclear power plant's EPZ.

15 Within the state of Washington, we also have
16 six counties that have elected to participate within
17 the program, and they're listed here. And then we
18 have two counties that are also within the 50-mile
19 ingestion planning zone that elected not to
20 participate within the program like Kitsap and
21 Kittitas. The planning and assistance for those
22 jurisdictions has been handled by State Emergency
23 Management Division within our plan, and then we keep
24 them notified as well as provide advice and assistance
25 to them should something come that directly impacts

1 their jurisdiction.

2 The whole overall goal of the REP program is to
3 protect the health and safety of the public. Rule
4 Number 1, it always goes back to Rule Number 1. To do
5 that, we follow requirements contained within the REP
6 program manual. And if I could group those together
7 into three pillars, I'd say that that would be
8 planning, training, and exercising. The counties also
9 have to follow these requirements, but they're split
10 up a little bit different based upon the risk.

11 Benton and Franklin, which are the most at risk
12 counties, are within the ten-mile emergency planning
13 zone. They're most at risk. The other counties, to
14 include the rest of Benton and Franklin Counties, have
15 ingestion-related requirements and aren't as strenuous
16 --

17 (A short recess was taken.)

18 MR. WILLIAMS: So to continue on, under
19 planning, we all have a lot of very common
20 requirements.

21 Okay. There we go. Put it back on.

22 Okay. We are all required to develop plans and
23 procedures as well as any other enabling documents
24 that help us respond and get assistance or resources
25 that we don't have ourselves. These all must be

Page 34

1 coordinated amongst all the jurisdictions as well as
2 the state agencies.

3 If there is a change to someone's plan, my
4 organization will do a courtesy review to make sure
5 that it meets the program requirements from our
6 opinion, and then that is, then, forwarded up to FEMA
7 who takes the final review and approves that as to
8 whether or not that plan has reasonable assurance that
9 it can protect the public safety and health.

10 As far as the training goes, we are all required
11 to do both initial and annual refresher training for
12 all staff or organizations that have a role in helping
13 us respond to and recover from an incident involving
14 Columbia Generating Station. There are also training
15 requirements for those that are responsible for the
16 planning efforts, for example, the planners that write
17 the plans and do the procedures, the trainers that
18 write the lesson plans and conduct the training, and
19 then the exercise coordinators who develop and conduct
20 the exercises, as well as for those program leads,
21 that there are some additional training for them as
22 well. These are all documented within our respective
23 plans.

24 As far as exercises go, we follow an eight-year
25 exercise cycle. All of the exercise criteria

1 contained within the REP program manual must be
2 demonstrated at least once in every eight-year cycle.
3 However, most of that is conducted once every
4 two years when we are federally evaluated by FEMA.
5 There is an exercise requirement annually, but --

6 UNIDENTIFIED MALE SPEAKER: Are you still in?

7 MR. WILLIAMS: Yes, we're here.

8 So we are evaluated by FEMA once every two years,
9 and they then review our performance, and if they note
10 any deficiencies or findings, they will be documented
11 as so. We then have to go through our corrective
12 actions program, coordinate with FEMA. We file a
13 resolution to that, we fix the problem, and then we
14 have to re-demonstrate our solution at a next
15 follow-on evaluated exercise.

16 We also conduct a few drills associated with
17 these. One is the medical services drill, which
18 focuses on the ability of local hospitals and
19 ambulance companies to treat a contaminated injured
20 patient. Our emergency worker assistance center
21 drill, this focuses on the ability of the community to
22 monitor and, if necessary, decontaminate evacuees as
23 well as those emergency workers that have to perform
24 missions in and out of the impacted area.

25 And then last, the State Department of Health gets

Page 36

1 assessed on their state labs available --

2 UNIDENTIFIED MALE SPEAKER: I'm sorry. I
3 don't know if anyone can hear me, but I can't hear
4 anything.

5 UNIDENTIFIED MALE SPEAKER: I can hear you,
6 but I'm not hearing anything either.

7 CHAIR DREW: Oh, we must -- okay. Thank you.

8 (A short recess was taken.)

9 CHAIR DREW: Sorry about that interruption.
10 And we will continue with Mr. William's briefing.

11 MR. WILLIAMS: Thank you.

12 For those that were on and may not have seen, we
13 are on the page that discusses -- oops, back on, there
14 we go -- financial support. We have an interlocal
15 agreement with EFSEC, we at emergency management. We
16 then have subcontracts with the local jurisdictions
17 that are within this program. The Department of
18 Health and the Department of Agriculture have separate
19 interlocal agreements with EFSEC for financial support
20 on this. All of the work associated with this is
21 based upon the requirements contained within the REP
22 program manual as well as some administrative and
23 program management activities. Unfortunately, all too
24 often, communities are not -- emergency management is
25 not real high on community's list of resource

1 priorities until something bad happens.

2 Of the program here that we have, there is a
3 positive benefit to impacted communities. One, we
4 establish and maintain relationships with each other.
5 We coordinate our planning together. We train
6 together and we exercise together. So anecdotally,
7 what we have found, and this applies throughout the
8 country, those jurisdictions, especially those that
9 are rural in nature, have positive benefits from
10 participating in the REP program. Energy Northwest
11 has been a good neighbor for us ever since we started
12 this back in 1983. They have been intimately involved
13 and coordinating with us, sitting down with us, and
14 being there when we needed them. We appreciate that,
15 and we look forward to continuing that relationship
16 with them.

17 Are there any questions?

18 CHAIR DREW: So I have a question, or perhaps
19 a comment, but what I'm hearing you say is that the
20 requirement stems from the federal requirements --

21 MR. WILLIAMS: Correct.

22 CHAIR DREW: -- to have the local communities
23 involved and engaged in the emergency preparedness,
24 and the outcome of that is not only are you prepared
25 then for if anything were to happen at this facility,

Page 38

1 but then the communities have greater experience
2 through the exercises for any emergency in their
3 community.

4 MR. WILLIAM: That is correct. In emergency
5 management, we know regardless of what the initiating
6 condition is for an emergency or disaster of the vast
7 majority, what you do for one, you do it for the
8 other, alert notification, mobilization, et cetera, et
9 cetera. This forces us to do that and to make sure
10 that we are, in fact, coordinated, working together,
11 and it's -- as they say, when the incident occurs is
12 not when you want to exchange business cards. So this
13 has a very positive benefit over any community
14 regardless of what the initiating condition is.

15 CHAIR DREW: Thank you.

16 MR. WILLIAMS: Yes, ma'am.

17 MS. ALBIN: Thank you, Chairman Drew and
18 council, for inviting me here to talk about the
19 compliance audit program.

20 Can everybody hear me okay?

21 Great.

22 If you have questions, we're going to have a
23 minute at the end or you can interrupt me as we go
24 along.

25 The Department of Health has provided technical

1 support to EFSEC and --

2 CHAIR DREW: Excuse me. Could you introduce
3 yourself?

4 MS. ALBIN: Oh, I'm sorry. Yeah.

5 I'm Lynn Albin, and I work with the Department of
6 Health, Office of Radiation Protection and a veteran
7 of the office. I have worked for the State of
8 Washington since 1980. I just confessed to them, my
9 colleagues, that -- my birth date, so I could go ahead
10 and say I work here almost 39 years, yes.

11 I am the lead worker or the lead for the
12 compliance audit program, and I work with a team of
13 people that includes other health physicists,
14 epidemiologists, hydrogeologists, nuclear engineers,
15 and radiation chemists. And the overall goal of our
16 program is to assure the public health and the
17 environment are protected. And we do that through our
18 scope of work that is established to regulate and
19 check the permitted emission from Columbia and to
20 assure that we are prepared in the case of a
21 radiological emergency.

22 So why do we care about emissions from Columbia
23 Generating Station? When radiation interacts with
24 matter, it can deposit its energy, all of it or part
25 of it, along the path through which it goes. If we're

Page 40

1 that path, then we're the ones that are getting the
2 energy, and that energy is quantified as a dose. When
3 there's radioactive particulates in air or in food, on
4 the ground, that, too, can become incorporated, and so
5 that contamination, then, can end up as a dose for us.
6 And we certainly want to limit our dose because the
7 dose -- radiation dose causes cell damage, can cause
8 damage to DNA, and it has an increase chance for
9 cancer. So we're -- our number one thing, our
10 underlying premise is to protect the public health.

11 But as Steve talked about, there's also an
12 economic health to the State of Washington. This is a
13 little bit outdated and from -- in the year -- I think
14 it's -- it's a little old, but the theory is the same,
15 and it shows the agricultural value by county, and
16 certainly, the counties that are surrounding Columbia
17 Generating Station are the ones that are in the
18 top 10 percent of market value for the State of
19 Washington. And that becomes important because if
20 anybody -- if there's some report of a release -- of a
21 potential release, an accident, then that really gets
22 everybody excited, and there's real concern from the
23 public.

24 Even if there isn't a public health risk, there
25 could be a huge consequence to the state's economy.

1 And after the Chernobyl accident in 1986, for
2 instance, there are countries that would not import
3 Washington agricultural products without having some
4 kind of a certificate that stated that the food was
5 free from contamination. And we still, to this day,
6 are providing those certificates to some countries as
7 a legacy of something that didn't even happen here.

8 We were told earlier, you know, we don't want to
9 confuse Hanford and the Columbia Generating Station,
10 and I don't want to, either, but for reference, this
11 is the Columbia Station down here, and this is the
12 Hanford site and the different operation sites. The
13 color here is contaminated groundwater plumes, and
14 that includes a contaminated groundwater plume
15 underneath Energy Northwest, which is not related to
16 this plant, but that's just something in the local
17 fare here.

18 The compliance audit program has several roles.
19 There's a radioactive air emissions component,
20 radiological monitoring, and emergency plans and
21 procedures. And together, all these plans work to
22 provide an assessment of Columbia's operations.

23 And rules, rules, rules, we saw most of these
24 earlier, but here are the rules that govern
25 environmental regulatory compliance at Columbia

Page 42

1 Generating Station. EFSEC's requirements are
2 presented in resolutions and orders. The original
3 site certification agreement was amended in 1975 to
4 include an environmental monitoring. It's been
5 amended a few times after that, and now, that program
6 resides in Resolution 332.

7 As something comes up, an issue that needs to be
8 dealt with, then we would go through a resolution or
9 an order to deal with that order -- or deal with that
10 problem. And one case would be -- an example would be
11 when we found very low -- low-level contaminated
12 sediments in the cooling towers. And we needed to
13 develop a procedure to dispose of those, safely
14 dispose of those sediments and to be able to account
15 for the radioactivity. And we worked through that and
16 came with a resolution. It's Number 299.

17 So within the compliance audit program, there are
18 three roles. First one I talked about is radioactive
19 air emissions, and they have, really, three focus
20 areas: licensing, reviewing of emissions data, and
21 also inspections and surveillance. We're going to
22 talk about licensing in a second.

23 Ben Conroy is from that group. He's here today,
24 and he and ~~Amy~~ ^{Amy} recently completed an inspection at
25 Columbia where they walked down the separation ponds

1 and also inspected the major units, the reactor
2 building, the turbine building, and rad waste
3 building.

4 Washington State is unique, I think, in the
5 country, that we regulate radioactive air missions
6 along with the Nuclear Regulatory Commission. The
7 state standard predates the federal standard, and they
8 both have the same dose limits, but the state is a
9 little bit more restrictive, in that it includes
10 fugitive emissions. Fugitive emissions are both
11 emissions which are not or cannot be monitored through
12 a stack event or some other structure. An example of
13 one of these units is the evaporation ponds, and I
14 think maybe tomorrow, when you go on your tour, that
15 area will be pointed out. And compliance to the air
16 emissions regs are included in Order 874.

17 Okay. The next arm of the compliance is
18 environmental monitoring. Environmental monitoring
19 provides a method to measure radiation in the
20 environment and determine if there's any radiological
21 effect from plant operations. And our compliance
22 audit functions -- overlooks what's being done -- not
23 overlook, oversee what's being done at Columbia and
24 make sure that the data is good and that the plant is
25 not operating in a way that is effecting negative

Page 44

1 effect -- effecting -- negatively effecting the
2 environment. The environmental data is used to
3 validate models for dose assessment during normal
4 operations, and it becomes really necessary, important
5 data if we're operating under environment -- or
6 emergency condition, if that were to happen. The
7 radiological monitoring role also conducts
8 environmental sampling and investigation and provides
9 laboratory support as needed.

10 So how do we provide an independent assessment of
11 data? By looking at the same media over long periods
12 of time, if possible, to evaluate for the accumulation
13 of radionuclides in the environment. If there's some
14 changes that's observed, it can trigger an
15 investigation or can enable the plants to make the
16 change before something becomes a problem.

17 With -- along with Columbia Generating Station,
18 the state operates a split-sampling program. In
19 19- -- I mean, 2018, we split about 380 samples,
20 environmental samples over this wide range of media.
21 Columbia Generating Station collects the samples,
22 takes their half to their own laboratory in-house.
23 Our samples are analyzed by the state's radiation
24 chemistry lab in Shoreline, Washington, and that
25 laboratory has the capability to look for trace levels

1 of radionuclide that would be expected to be produced
2 by a boiling water reactor. And when all the samples
3 are analyzed, then the data is all reported, and the
4 results are combined and compared.

5 Okay. Emergency Preparedness Program. You may
6 have heard from Steve about one emergency preparedness
7 program, and the state does have separate grant for
8 emergency preparedness, that is for planning, for
9 training, for drills, and for exercises. And that's
10 separate of this function which reviews CGS plans and
11 procedures and emergency action levels to make sure
12 they're consistent with state plans, attends
13 critiques, and probably, the biggest part is document
14 review. We look at documents through the lens of
15 public health, air emissions, and emergency
16 preparedness.

17 We look at NRC information notices, regulatory
18 summary, event notifications, section reports, and
19 operating license amendments to name a few, and we
20 provide feedback to the NRC when requested to do so.
21 The state also maintains current copy of operation
22 manuals, EFSEC's off-site dose calculation manual, and
23 such documents that we keep in-house for reference as
24 needed.

25 So these three roles, collectively, supports the

Page 46

1 state and lawful operations of Columbia. And I think
2 this is one of the values from this program, is that
3 we provide an independent audit, and that allows us to
4 be able to communicate to the public any findings that
5 we have to local health jurisdiction, to agriculture,
6 or to any other entities and interested parties who
7 share what we have learned.

8 So that is the end of it. If you have questions,
9 I can answer them, or here's my contact information.
10 If you -- if something bubbles up later, you can give
11 me a call. If I can't answer it, I know somebody on
12 the team can.

13 CHAIR DREW: Thank you.

14 Thank you all for very informative presentations.
15 I know I learned a lot and benefit from having this
16 information since I have just been with the council a
17 little bit under two years, so really appreciate that.

18 We, now, will move on to our Item Number 5 on the
19 agenda, which is the second quarter cost allocation.

20 Ms. Bumpus.

21 MS. BUMPUS: Thank you, Chair Drew.

22 And good afternoon, council members.

23 So as we do every quarter, I'm going to report the
24 cost allocations based off EFSEC's cost allocation
25 plan that was approved by the council in

1 September 2004. These cost allocations are for the
2 second quarter of fiscal year 2020, from
3 October 1, 2019 through to December 30th, 2019.

4 For Kittitas Valley Wind Power Project,
5 11 percent; Wild Horse Wind Power Project, 11 percent;
6 Columbia Generating Station, 24 percent; WNP-1,
7 4 percent; Whistling Ridge Energy Project, 4 percent;
8 Grays Harbor 1 and 2, 17 percent; Chehalis Generation
9 Project, 15 percent; Desert Claim Wind Power Project,
10 10 percent; and Grays Harbor Energy 3 and 4,
11 4 percent.

12 CHAIR DREW: Thank you.

13 And with that, this meeting is concluded and
14 adjourned. Thank you.

15 (Adjourned at 2:41 p.m.)

16
17
18
19
20
21
22
23
24
25

