



Washington State Energy Facility Site Evaluation Council

AGENDA

MONTHLY MEETING
Tuesday November 16, 2021
1:30 PM

CONFERENCE CALL ONLY
Conference number: (253) 372-2181 ID: 662593855#

- 1. Call to Order Kathleen Drew, EFSEC Chair
- 2. Roll Call Joan Owens, EFSEC Staff
- 3. Proposed Agenda Kathleen Drew, EFSEC Chair
- 4. Minutes
 - Meeting Minutes** Kathleen Drew, EFSEC Chair
 - September 14, 2021 Special Meeting Minutes
 - October 19, 2021 Monthly Meeting Minutes
- 5. Projects
 - a. Kittitas Valley Wind Project
 - Operational Updates Eric Melbardis, EDP Renewables
 - b. Wild Horse Wind Power Project
 - Operational Updates Jennifer Galbraith, Puget Sound Energy
 - c. Chehalis Generation Facility
 - Operational Updates Mark Miller, Chehalis Generation
 - d. Grays Harbor Energy Center
 - Operational Updates Chris Sherin, Grays Harbor Energy
 - e. Columbia Generating Station
 - Operational Updates Marshall Schmitt, Energy Northwest
 - f. WNP – 1/4
 - Non-Operational Updates Marshall Schmitt, Energy Northwest
 - g. Columbia Solar
 - Project Updates Owen Hurd, Tuusso Energy
 - h. Desert Claim
 - Project Updates Amy Moon, EFSEC Staff
 - i. Horse Heaven Wind Farm
 - SEPA update Amy Moon, EFSEC Staff
 - j. Goose Prairie Solar
 - Project Updates Kyle Overton, EFSEC Staff
 - k. Badger Mountain
 - Project Updates Sean Chisholm, EFSEC Staff
- 6. Adjourn Kathleen Drew, EFSEC Chair

Note: "FINAL ACTION" means a collective positive or negative decision, or an actual vote by a majority of the members of a governing body when sitting as a body or entity, upon a motion, proposal, resolution, order, or ordinance. RCW 42.30.020

Special Meeting

Washington State Energy Facility Site Evaluation Council

September 14, 2021



206.287.9066 | 800.846.6989

1325 Fourth Avenue, Suite 1840, Seattle, Washington 98101

www.buellrealtime.com

email: info@buellrealtime.com



Special Meeting - 9/14/2021

Page 1

WASHINGTON STATE
ENERGY FACILITY SITE EVALUATION COUNCIL
SPECIAL MEETING
September 14, 2021
1:30 p.m.

Virtual Special Meeting
Verbatim Transcript of Proceedings

DATE TAKEN: SEPTEMBER 14, 2021
REPORTED BY: TAYLER GARLINGHOUSE, CCR 3358

Page 3

1 LACEY, WASHINGTON; SEPTEMBER 14, 2021
2 1:30 P.M.
3 --o0o--
4 P R O C E E D I N G S
5
6 CHAIR DREW: Good afternoon. This is
7 Kathleen Drew, Chair of the Washington Energy Facility
8 Site Evaluation Council, calling to order our special
9 council meeting for September 14th, 2021.
10 The purpose of this meeting in the notice is
11 to consider the Chehalis Generating Facility's request
12 to purchase municipal water during a low flow period of
13 the Chehalis River under Article 6.a.7.a of the site
14 certification agreement.
15 The last sentence of the notice is an error
16 as it says the Council may consider and take final
17 action on granting expedited processing. We are not
18 considering granting expedited processing. We are
19 considering a resolution, as it says in the -- in the
20 first paragraph, for the purpose of -- of purchasing
21 water for Chehalis generation -- Generating Facility. I
22 apologize for any confusion that may -- that may have
23 caused for anyone. But as I said, it is specifically
24 only for the purpose of considering the Chehalis
25 Generating Facility's request to purchase municipal

Page 2

1 A P P E A R A N C E S
2
3 Councilmembers:
4 KATHLEEN DREW, Chair
5 ROB DENGEL, Department of Ecology
6 KATE KELLY, Department of Commerce
7 STACEY BREWSTER, Utilities and Transportation Commission
8 LENNY YOUNG, Department of Natural Resources
9 MIKE LIVINGSTON, Department of Fish & Wildlife
10
11 Assistant Attorney General:
12 JON THOMPSON
13
14 Council Staff:
15 JOAN OWENS
16 SONIA BUMPUS
17 AMI HAFKEMEYER
18 KYLE OVERTON
19 Also Present:
20 MARK MILLER, Chehalis Generation Facility
21
22
23
24
25

Page 4

1 water during a low flow period of the Chehalis River
2 under the site certification agreement.
3 So with that clarification, Ms. Owens, will
4 you take the roll?
5 MS. OWENS: Department of Commerce?
6 MS. KELLY: Kate Kelly, present.
7 MS. OWENS: Department of Ecology?
8 MR. DENGEL: Rob Dengel, present.
9 MS. OWENS: Department of Fish and Wildlife?
10 MR. LIVINGSTON: Mike Livingston, present.
11 MS. OWENS: Department of Natural Resources?
12 MR. YOUNG: Lenny Young, present.
13 MS. OWENS: Utilities and Transportation
14 Commission?
15 MS. BREWSTER: Stacey Brewster, present.
16 MS. OWENS: Assistant Attorney General?
17 MR. THOMPSON: Jon Thompson, present.
18 MS. OWENS: For Council Staff, Sonia Bumpus?
19 MS. BUMPUS: Sonia Bumpus, present.
20 MS. OWENS: Ami Hafkemeyer?
21 MS. HAFKEMEYER: Ami Hafkemeyer, present.
22 MS. OWENS: Amy Moon?
23 Kyle Overton?
24 MR. OVERTON: Kyle Overton, here.
25 MS. OWENS: Joe Wood?

Special Meeting - 9/14/2021

Page 5

1 Sean Chisholm?
 2 And I will move on to our court reporter?
 3 THE COURT REPORTER: Tayler Garlinghouse,
 4 present.
 5 MS. OWENS: Thank you.
 6 And for Chehalis Generation Facility?
 7 MR. MILLER: This is Mark Miller
 8 representing the Chehalis -- PacifiCorp Chehalis
 9 Generation Facility.
 10 MS. OWENS: Thank you.
 11 Chair, there is a quorum for the regular
 12 Council.
 13 CHAIR DREW: Thank you.
 14 So let's bring up for the Council the
 15 resolution, and I believe you also have that in your
 16 inboxes. You may not have all seen it yet, but we will
 17 ask Mr. Overton to go through it in detail. I know that
 18 you have received the -- in writing the request from
 19 Chehalis generation -- Generating Facility. So
 20 Mr. Overton will walk through the resolution and answer
 21 any questions you have, and we also have Mr. Miller
 22 present to answer questions.
 23 Mr. Overton?
 24 MR. OVERTON: Yes, thank you. This is Kyle
 25 Overton, the EFSEC site specialist for the Chehalis

Page 6

1 Facility. I have a kind of a brief overview, and then
 2 we can go through the resolution if there's any
 3 questions or any clarification or some additional
 4 information required.
 5 So the facility mentioned in their August
 6 Council meeting update that on July 7th, the Chehalis
 7 River entered into a low flow period curtailing the
 8 purchases of -- the purchase of water by the facility.
 9 EFSEC Staff have been working with the facility and
 10 Department of Ecology to resolve this issue.
 11 In Article 6 of the Chehalis Facility's site
 12 certification agreement, or SCA, it limits the purchase
 13 of water from the City of Chehalis during low flow
 14 periods in the Chehalis River, and low flow periods are
 15 designated as times when the flow as measured at Grand
 16 Mound is below 165 cubic feet per second.
 17 EFSEC was informed of this situation and
 18 received a formal request to purchase water under
 19 provisions identified in Article 6.a.7.a. of the SCA to
 20 provide a letter and draft resolution outline the
 21 request, which allows for the purchase of 20 acre feet
 22 of water from the City of Chehalis.
 23 And to the same extent that they're
 24 purchasing water, the facility is proposing to provide
 25 \$25,000 to bill the City of Chehalis and the Chehalis

Page 7

1 Basin Partnership funding of water conservation efforts,
 2 which is -- and that conservation funding is a
 3 requirement of that Article 6 of the SCA in order to
 4 purchase during low flow periods.
 5 The Department of Ecology was provided
 6 notice of this proposal on September 2nd by the
 7 facility, and Ecology indicated their support of the
 8 proposal during a meeting held on September 3rd with a
 9 representative of EFSEC, Jon Thompson, our AG, and the
 10 facility.
 11 EFSEC Staff are requesting the Council to
 12 consider the request from Facility at this time.
 13 Are there any specific questions or any
 14 clarification items that I could help out with?
 15 CHAIR DREW: Councilmembers, do you have
 16 questions?
 17 MR. YOUNG: Kyle, this is Lenny Young. Has
 18 any organization or individual come forth speaking
 19 against doing this?
 20 MR. OVERTON: No, there hasn't been. There
 21 also hasn't really been a public input process here and
 22 it isn't required per the SCA. This -- the section of
 23 the SCA was in part developed when the -- an amendment
 24 was done several years back and was part of a
 25 negotiation between EFSEC, the facility, Washington

Page 8

1 Department of Fish and Wildlife, and Ecology, which put
 2 in these requirements to allow for purchase of water.
 3 So there was public input at that time, and
 4 Jon Thompson may have a little more nuance take on that,
 5 but that was when the public had the opportunity to
 6 comment on this process.
 7 MR. YOUNG: Okay. Follow up on that, is the
 8 City of Chehalis amenable? Do we have any kind of a
 9 readout on where the City stands?
 10 MR. OVERTON: Again, that's not a
 11 requirement of this, but I do believe Mr. Miller has
 12 been in touch with the City and they are supportive and
 13 they do have water to provide the facility. And --
 14 CHAIR DREW: Mr. Miller, would you like to
 15 answer that?
 16 MR. MILLER: Yes, that's correct. We --
 17 we've been in discussions with Mr. Vasilauskas, the
 18 water department director, and also communicating with
 19 his staff on the availability of water to purchase. And
 20 we discussed also the -- the opportunity for us to
 21 become more engaged in their conservation activities.
 22 So the City is -- is aware, they know that
 23 we've curtailed purchases, obviously, and they have
 24 water available for us and are not opposed to us
 25 purchasing water immediately if this is approved.

Special Meeting - 9/14/2021

Page 9

1 MR. YOUNG: Thank you.
 2 CHAIR DREW: Mr. Thompson, do you have
 3 anything to add to the questions that have been asked?
 4 MR. THOMPSON: Just that -- well, maybe if
 5 we could scroll down to the actual language indented
 6 there in the resolution from the site certification
 7 agreement. A little bit further. Yeah, so what I want
 8 to just point out is the second sentence -- let me see,
 9 where it indicates that really the only notice is 15
 10 days notice to Ecology in approval by the Council. So
 11 Ecology did receive notice, and I'm not certain whether
 12 the -- I counted the days, but -- but it's basically
 13 just an opportunity of at least, you know, 15 days for
 14 Ecology to be available to evaluate.
 15 Because it was part of -- as -- as
 16 Mr. Overton mentioned, it was part a settlement
 17 agreement between WDFW, Ecology, and the applicant. And
 18 so this kind of protects Ecology's right to review
 19 what's being proposed, and they've had the opportunity
 20 to do that and weighed in it on -- with their approval
 21 of this approach. So that's all I would add.
 22 CHAIR DREW: Thank you.
 23 Are there additional questions from
 24 Councilmembers?
 25 MR. YOUNG: Yeah, this is Lenny again.

Page 10

1 Maybe more discussion within the Council, but Mike, does
 2 WDFW have any concerns about how this might affect low
 3 flows or fisheries or anything like that?
 4 MR. LIVINGSTON: Thanks, Councilmember
 5 Young, there. I -- for the question. My assumption has
 6 been and I believe I've been able to get through the
 7 records here to confirm this is, is that this would be
 8 coming out of the City's already approved right of
 9 water, so it wouldn't have any more impact on in-stream
 10 flow. And maybe we can just get a confirmation on that.
 11 But that's been my assumption.
 12 CHAIR DREW: Mr. Miller, do you have an
 13 answer on that?
 14 MR. MILLER: This is Mark Miller. My
 15 understanding is yes, this is within the -- the water
 16 rights the City has, and they're -- they've primarily
 17 pulled water, I believe it's from the south fork of the
 18 Newaukum River, and there really hasn't been any other,
 19 you know, concern noted about impact. There were
 20 discussions with Mr. Gallagher of Ecology and -- just in
 21 anecdotally, you know, he doesn't seem to think the
 22 request would have any impact, and he also noted --
 23 maybe, Mr. Overton, you can confirm that, that this was,
 24 you know, consistent within the City's water right.
 25 MR. OVERTON: Right, yes, this is Kyle

Page 11

1 Overton. I can -- basically the -- the facility has a
 2 requirement in the SCA to purchase all their water from
 3 the municipal supply. So it would -- and Mr. Gallagher
 4 indicated that, you know, they have a separate right,
 5 the City does, and that this would be the -- kind of
 6 beholden to that.
 7 MR. LIVINGSTON: And this is Councilmember
 8 Livingston again. Thanks -- thanks for that
 9 confirmation. I -- given that information, which
 10 confirms what I was assuming, I -- I don't have any
 11 concerns from a Fish standpoint at this point.
 12 CHAIR DREW: Thank you.
 13 Are there questions or comments from
 14 Councilmembers?
 15 MS. KELLY: Chair Drew, this is Kate Kelly.
 16 I -- just to make sure I understand, this is just like a
 17 temporary thing and then it goes back to -- it's just
 18 like temporary permission to -- to purchase water for a
 19 while?
 20 CHAIR DREW: Mr. Overton, would you like to
 21 answer that?
 22 MR. OVERTON: Yes, this is a one-time
 23 authorization to purchase 20 acre feet of water from the
 24 City during this low flow period of Chehalis River.
 25 It's not an ongoing approval. Any ongoing approval

Page 12

1 would require an SCA amendment of some sort.
 2 MS. KELLY: We expect -- we expect the flows
 3 to go up?
 4 MR. OVERTON: Yes, hopefully we get some
 5 rain coming in and that is the case. But the facility,
 6 and Mark can clarify this, has indicated that as of
 7 September 19th, they will run out of reserve waters to
 8 continue operation, which is why we're seeking this
 9 authorization to purchase water during the low flow
 10 period at this time.
 11 CHAIR DREW: My -- my understanding, too,
 12 about the history of this is that -- and Mr. Miller
 13 maybe can correct me if I overstated or state it
 14 wrong -- is that at the time of the site certification
 15 agreement, the Council looked at the issue of purchasing
 16 water and had concern about the water supply and
 17 therefore, required a significantly larger holding
 18 facility for water on site. And that has come into play
 19 in this situation. So good foresight there, and then
 20 put the limitation in terms of the water flow at that
 21 point.
 22 It may be -- certainly something given our
 23 issues going forward, it may be something that is more
 24 recurring and may require some additional investigation
 25 in the future.

Special Meeting - 9/14/2021

Page 13

1 But is that correct on the history,
 2 Mr. Miller?
 3 MR. MILLER: Yes, the history of this
 4 particular plant's design dates back into the '90s, late
 5 '90s, when many of these negotiations, and obviously
 6 Mr. Consen [phonetic], you know, on his research of
 7 the -- the settlement between the parties, they actually
 8 changed the original design from this plant using
 9 evaporative cooling powers, used air cooled condenser,
 10 which is technically something you would see in arid
 11 environments. And a lot of this was early in
 12 discussions around what they call the Centralia Reach.
 13 So there were low flow periods, and so the
 14 City of Centralia redesigned their waste water treatment
 15 facility and moved it downstream. And so there were
 16 total daily max -- you know, TMVL limits on -- as far as
 17 oxygen consumption in the river.
 18 So there -- there's quite a bit of history
 19 there. We have, you know -- just in the last ten years,
 20 we've curtailed purchases seven of those ten years due
 21 to low flow, and yes, as part of the design change,
 22 there was a -- an -- you know, a consideration for
 23 greater amount of raw water storage and also the
 24 demineralized water.
 25 So those -- those early design changes was

Page 14

1 part of the settlement that was reached, but still left
 2 in this particular constraint that when the river is
 3 measured at the Grand Mound station for the USGS reached
 4 165 cubic feet per second, we would curtail water to
 5 mitigate further impacts.
 6 So that was a long answer, yes, you're
 7 correct, Chair Drew.
 8 CHAIR DREW: No, I appreciate that, and I'm
 9 sure the Council appreciates on the details on the -- on
 10 the history as well.
 11 MS. BREWSTER: This is Stacey Brewster. I
 12 have one question. You mentioned that you've had to
 13 curtail before, have you had to purchase water in the
 14 past?
 15 MR. MILLER: Not -- in the history of the
 16 operation of the plant, there's been no period with
 17 which we've come close to consuming our on-site storage.
 18 Right now, you know, we -- we have approximately eight
 19 to ten days left depending on, you know, losses within
 20 the system, whether we have two weeks or not. But it's,
 21 you know, we've always had at least a minimum of 30 days
 22 left before the next rains have occurred.
 23 And this river basin, as Mr. Gallagher noted
 24 in our discussions with him, is, you know, primarily a
 25 rain- and spring-fed river. So it doesn't rely on snow

Page 15

1 melt. So the changes in the river flow are pretty --
 2 pretty dramatic and -- and soon after a rainfall.
 3 So when we've had curtailment in the past,
 4 you know, we may have had an August rain of a day or two
 5 or a Labor Day September rain, and we would always, you
 6 know, be able to pull water and get us by for another
 7 period of time. But this is the longest stretch that we
 8 have -- you know, in our recorded operating history that
 9 we've curtailed purchases. So now 58 days now or so
 10 that we haven't purchased water.
 11 CHAIR DREW: Thank you.
 12 Are there additional questions or comments
 13 by Councilmembers?
 14 So before us, we have the resolution, which
 15 if you'll scroll down there, Ms. Owens, to the
 16 resolution portion, and the resolution I guess the --
 17 including the background and information that's
 18 provided, but the -- the final part says having
 19 considered Centralia general -- sorry, Chehalis
 20 Generating Facility -- the letters are messing me up
 21 here -- proposal, the comments of Ecology, and the
 22 recommendation of EFSEC Staff, the Council hereby
 23 approves pursuant to Article 6.a.7.a PacifiCorp's
 24 purchase of water from the City of Chehalis effective
 25 immediately according to the terms proposed.

Page 16

1 PacifiCorp must submit certification that
 2 payment has been made to the City of Chehalis and to the
 3 Chehalis Basin Partnership on the terms described in
 4 this resolution by December 1st, 2021. And PacifiCorp,
 5 of course, is the owner of the Chehalis Generating
 6 Facility.
 7 Is there a motion to approve this
 8 resolution?
 9 MR. DENGEL: Rob Dengel, motion to approve
 10 said resolution.
 11 CHAIR DREW: Thank you.
 12 Is there a second?
 13 MS. KELLY: Kate Kelly --
 14 MR. LIVINGSTON: Mike Livingston --
 15 MS. KELLY: -- second.
 16 CHAIR DREW: I'll say Kate Kelly seconded
 17 because that's the voice I heard first.
 18 Thank you all.
 19 Are there -- is there any discussion? This
 20 is a complex issue with a lot of history, and I want to
 21 thank the Staff, Mr. Miller, Mr. Thompson, Mr. Overton,
 22 and certainly the Department of Ecology for working to
 23 address this issue as we need to make sure that the
 24 facility does have access to water within the confines
 25 of the site certification agreement.

Special Meeting - 9/14/2021

Page 17

1 So I thank you all for your work, and I will
 2 ask the Councilmembers how you vote. All in favor,
 3 signify by saying "aye."
 4 COUNCILMEMBERS: Aye.
 5 CHAIR DREW: Aye.
 6 All opposed?
 7 The motion is approved unanimously, and I
 8 will have signatures, my signature and Ms. Bumpus' on
 9 the call, on this resolution and forwarded so that the
 10 purchase of the water can happen.
 11 MR. MILLER: Chair Drew, this is Mark Miller
 12 of PacifiCorp Chehalis. I just want to thank
 13 Mr. Overton and the rest of the Staff and the Council
 14 for reviewing this matter as it is important, and thank
 15 you very much.
 16 CHAIR DREW: Thank you.
 17 With that, this meeting is adjourned. Thank
 18 you all very much.
 19 (Adjourned at 1:51 p.m.)

Page 18

CERTIFICATE

STATE OF WASHINGTON
COUNTY OF THURSTON

I, Tayler Garlinghouse, a Certified Shorthand
Reporter in and for the State of Washington, do hereby
certify that the foregoing transcript is true and
accurate to the best of my knowledge, skill and ability.



Tayler Garlinghouse
Tayler Garlinghouse, CCR 3358

Verbatim Transcript of Monthly Council Meeting

Washington State Energy Facility Site Evaluation Council

October 19, 2021



206.287.9066 | 800.846.6989

1325 Fourth Avenue, Suite 1840, Seattle, Washington 98101

www.buellrealtime.com

email: info@buellrealtime.com



Verbatim Transcript of Monthly Council Meeting - 10/19/2021

<p style="text-align: right;">Page 1</p> <hr/> <p style="text-align: center;">Washington State Energy Facility Site Evaluation Council Tuesday, October 19, 2021 1:30 P.M.</p> <hr/> <p style="text-align: center;">Virtual Monthly Council Meeting Verbatim Transcript of Proceedings</p> <p>REPORTED BY: TAYLER GARLINGHOUSE, CCR 3358 Buell Realtime Reporting, LLC 1325 Fourth Avenue, Suite 1840 Seattle, Washington 98101 (206) 287-9066 Seattle (360) 534-9066 Olympia (800) 846-6989 National www.buellrealtime.com</p>	<p style="text-align: right;">Page 3</p> <p>1 A P P E A R A N C E S (Cont.) 2 Also Present: 3 MARSHALL SCHMITT, Energy Northwest 4 ERIC MELBARDIS, EDP Renewables 5 6 7 8 9 10 11 12 13 14 15 16 17 18 19 20 21 22 23 24 25</p>
<p style="text-align: right;">Page 2</p> <p>1 A P P E A R A N C E S 2 Councilmembers: 3 KATHLEEN DREW, Chair 4 KATE KELLY, Department of Commerce 5 ROB DENGEL, Department of Ecology 6 MIKE LIVINGSTON, Department of Fish and Wildlife 7 LENNY YOUNG, Department of Natural Resources 8 STACEY BREWSTER, Utilities and Transportation Commission 9 10 Local Government and Optional State Agencies, Dept. 11 of Transportation: 12 13 BILL SAURIOL 14 15 Horse Heaven Wind Project, Department of Agriculture: 16 DEREK SANDISON 17 18 Assistant Attorney General: 19 20 JON THOMPSON 21 22 EFSEC Staff: 23 SONIA BUMPUS 24 AMI HAFKEMEYER 25 AMY MOON 26 STEW HENDERSON 27 JOAN OWENS 28 JOE WOOD 29 SEAN CHISHOLM 30 KYLE OVERTON 31 ANDREA GRANTHAM 32 33 Also Present: 34 35 JENNIFER GALBRAITH, PSE Horse Heaven 36 OWEN HURD, Tuusso Energy 37 MARK MILLER, Chehalis Generation 38 BILL SHERMAN, The Environment 39 MEGAN SALLOMI, The Environment 40 CHRIS SHERIN, Grays Harbor</p>	<p style="text-align: right;">Page 4</p> <p>1 LACEY, WASHINGTON; OCTOBER 19, 2021 2 1:30 P.M. 3 --o0o-- 4 P R O C E E D I N G S 5 6 CHAIR DREW: Good afternoon. This is 7 Kathleen Drew, Chair of the Washington State Energy 8 Facility Site Evaluation Council, and I'm calling our 9 October meeting to order. 10 Ms. Owens, will you call the roll? 11 MS. OWENS: Department of Commerce? 12 MS. KELLY: Kate Kelly, present. 13 MS. OWENS: Department of Ecology? 14 MR. DENGEL: Rob Dengel, present. 15 MS. OWENS: Department of Fish and Wildlife? 16 MR. LIVINGSTON: Mike Livingston, present. 17 MS. OWENS: Department of Natural Resources? 18 MR. YOUNG: Lenny Young, present. 19 MS. OWENS: Utilities and Transportation 20 Commission? 21 MS. BREWSTER: Stacey Brewster, present. 22 MS. OWENS: Local Government and Optional 23 State Agencies for the Goose Prairie Project, Department 24 of Transportation? 25 MR. SAURIOL: Bill Sauriol, present.</p>

Verbatim Transcript of Monthly Council Meeting - 10/19/2021

Page 5	Page 7
<p>1 MS. OWENS: For the Horse Heaven Project, 2 Department of Agriculture? 3 MR. SANDISON: Here. 4 MS. OWENS: Benton County? 5 Assistant Attorney General Jon Thompson? 6 MR. THOMPSON: Jon Thompson, here. 7 MS. OWENS: Administrative Law Judge 8 Johnette Sullivan? 9 Adam Torem? 10 Moving on to Council Staff, Sonia Bumpus? 11 MS. BUMPUS: Sonia Bumpus, here. 12 MS. OWENS: Ami Hafkemeyer? 13 MS. HAFKEMEYER: Ami Hafkemeyer, present. 14 MS. OWENS: Amy Moon? 15 MS. MOON: Amy Moon, here. 16 MS. OWENS: Kyle Overton? 17 MR. OVERTON: Kyle Overton, here. 18 MS. OWENS: Joe Wood? 19 MR. WOOD: Joe Wood, present. 20 MS. OWENS: Sean Chisholm? 21 MR. CHISHOLM: Sean Chisholm, present. 22 MS. OWENS: Stew Henderson? 23 MR. HENDERSON: Stew Henderson, here. 24 MS. OWENS: Andrea Grantham? 25 MS. GRANTHAM: Andrea Grantham, present.</p>	<p>1 CHAIR DREW: Thank you. 2 Moving on to our proposed agenda, we have -- 3 you have before you on the screen proposed agenda for 4 today's meeting. Is there a motion to adopt the 5 proposed agenda? 6 MR. DENGEL: Rob Dengel, motion to approve 7 agenda. 8 MS. KELLY: Kate Kelly, second. 9 CHAIR DREW: Thank you. 10 Any discussion? 11 All those in favor, signify by saying "aye." 12 COUNCILMEMBERS: Aye. 13 CHAIR DREW: Opposed? 14 The agenda is adopted. 15 Moving on to the meeting minutes. We have 16 two sets of minutes this month. We have the 17 September 21st, 2021 monthly meeting minutes. Is there 18 a motion to approve the September 21 monthly meeting 19 minutes? 20 MR. LIVINGSTON: This is Mike Livingston. I 21 will move to approve the September 21st meeting minutes. 22 CHAIR DREW: Thank you. 23 Second? 24 MR. YOUNG: Lenny Young, second. 25 CHAIR DREW: Thanks.</p>
Page 6	Page 8
<p>1 MS. OWENS: For operational updates, 2 Kittitas Valley Wind? 3 MR. MELBARDIS: Eric Melbardis, present. 4 MS. OWENS: Wild Horse Wind Power Project? 5 MS. GALBRAITH: Jennifer Galbraith, present. 6 MS. OWENS: Grays Harbor Energy Center? 7 MR. SHERIN: Chris Sherin, present. 8 MS. OWENS: Chehalis Generation Facility? 9 MR. MILLER: Mark Miller, present. And I 10 also have with me the operations manager, Stephen 11 O'Schmidt [phonetic], here. 12 MS. OWENS: Thank you. 13 Columbia Generating Station? 14 MR. SCHMITT: Marshall Schmitt, present. 15 MS. OWENS: Columbia Solar? 16 MR. HURD: Owen Hurd, present. 17 MS. OWENS: Chair, there is a quorum for the 18 regular Council and for the Goose Prairie and Horse 19 Heaven Council. 20 CHAIR DREW: And our counsel for The 21 Environment? 22 MS. OWENS: Oh, I'm sorry. 23 MR. SHERMAN: Yeah, thank you. Bill Sherman 24 and Megan Sallomi as counsel for The Environment. 25 MS. OWENS: Thank you.</p>	<p>1 Any discussion or corrections? 2 Hearing none, all those in favor of 3 approving the September 21, 2021 monthly meeting 4 minutes, please say "aye." 5 COUNCILMEMBERS: Aye. 6 CHAIR DREW: Opposed? 7 Minutes are approved. 8 Moving on to the September 27th, 2021 Goose 9 Prairie public comment meeting minutes. Is there a 10 motion to approve the meeting minutes for the Goose 11 Prairie public comment meeting? 12 MS. BREWSTER: This is Stacey Brewster. I 13 will move that we approve the meeting minutes from the 14 September 27th Goose Prairie public comment meeting. 15 CHAIR DREW: Thank you. 16 Second? 17 MR. DENGEL: Rob Dengel, second. 18 CHAIR DREW: Any comments or corrections? 19 Hearing none, all those in favor of 20 approving the minutes for the September 27th Goose 21 Prairie public comment meeting, please say "aye." 22 COUNCILMEMBERS: Aye. 23 CHAIR DREW: Opposed? 24 Meeting minutes are approved. 25 Moving on to the operational updates,</p>

2 (Pages 5 to 8)

Verbatim Transcript of Monthly Council Meeting - 10/19/2021

Page 9	Page 11
<p>1 Kittitas Valley Wind Project, Mr. Melbardis. 2 MR. MELBARDIS: Good afternoon, Chair Drew, 3 EFSEC Council, and Staff. For the record, this is Eric 4 Melbardis with EDP Renewables speaking on behalf of the 5 Kittitas Valley Wind Power Project. We had nothing 6 nonroutine to report for the period. 7 CHAIR DREW: Thank you. 8 Moving on to the Wild Horse Wind Facility, 9 Ms. Galbraith? 10 MS. GALBRAITH: Yes, thank you, Chair Drew, 11 Councilmembers, and Staff. For the record, this is 12 Jennifer Galbraith with the Wild Horse Wind Facility for 13 Puget Sound Energy. I have one update for the month of 14 September. 15 We had our annual Technical Advisory 16 Committee meeting via conference call on September 28th. 17 The TAC reviewed the results of the five years of 18 monitoring sage grouse habitat restoration efforts and 19 voted on a motion that the alternative sage grouse 20 conservation measures have been achieved and no 21 additional action and/or mitigation is recommended at 22 this time. The TAC voted six to one in favor of the 23 motion. 24 And I believe that Kyle Overton will now 25 present the full motion and the TAC recommendation for</p>	<p>1 recommendation is for the continuation of the current 2 mitigation practices such as control of noxious weeds 3 and maintaining cattle-exclusion fencing. And they're 4 listed out on the document on the screen now, those -- 5 the mitigation measures that are continued. 6 And it also calls for closing out the 7 requirement to monitor the habitat restoration area and 8 also calls for the TAC to continue to coordinate if 9 conditions surrounding sage grouse warrant additional 10 measures in the future. 11 The recommendation states that based on the 12 results of, you know, mitigation efforts, the objective 13 of the 2010 alternative mitigation measures have been 14 met and no further actions or mitigation measures are 15 recommended at this time. 16 This recommendation was presented to members 17 of the Wild Horse TAC during the September 2021 TAC 18 meeting, and members voted to approve adopting the 19 measures in this recommendation and present this to the 20 EFSEC Council for their consideration. 21 The EFSEC Council has, you know, the 22 ultimate authority on adopting mitigation measures -- 23 mitigation requirements for the project, and at this 24 time, the Wild Horse TAC and EFSEC Staff are requesting 25 the Council to consider the recommendation on sage</p>
Page 10	Page 12
<p>1 the Council's consideration. 2 CHAIR DREW: Thank you. 3 Mr. Overton? 4 MR. OVERTON: Yes, thank you. This is Kyle 5 Overton, the site specialist for Wild Horse. So I have 6 some additional history and background on this TAC 7 decision that is before the Council today. 8 In 2010, the EFSEC Council voted to approve 9 the unanimous TAC recommendation for alternate 10 conservation measures, which would satisfy the 11 mitigation measure requiring the inflation of perch 12 [phonetic] discouragers for the project. 13 One of the alternative measures called for 14 the identification of an appropriate location for the 15 improvement of habitat suitable for sage grouse nesting 16 and [inaudible]. Through an adaptive management process 17 in 2013, a refined management plan was developed and 18 implemented for the improvement of this habitat area. 19 This updated restoration plan called for a five-year 20 monitoring requirement of the restoration area, which 21 concluded in 2020. 22 Since all that, a recommendation on future 23 of sage grouse mitigation activities at the Wild Horse 24 Project was developed by U.S. Fish and Wildlife Service 25 and Washington Department of Fish and Wildlife. This</p>	<p>1 grouse mitigation. 2 Are there any questions? 3 CHAIR DREW: Thank you. 4 Are there any questions for either 5 Mr. Overton or Ms. Galbraith? 6 MR. LIVINGSTON: Chair Drew, this is Mike 7 Livingston. 8 CHAIR DREW: Go ahead. 9 MR. LIVINGSTON: I -- I don't have a 10 question. I just want to comment that this is very 11 helpful to have the -- the notes from the TAC meeting 12 and to review the discussion that occurred during that 13 meeting. We had two of our Fish and Wildlife employees 14 in those discussions, including Mike Ritter, who is our 15 renewable energy biologist, and our sage grouse 16 specialist, Dr. Mike Schroeder, in those discussions. 17 And so I just wanted to comment that it was 18 helpful to have the notes and see the dialogue that went 19 on and I can see where their -- their positions are for 20 us. So just wanted to make that comment. 21 CHAIR DREW: Thank you. Yes, it was -- it 22 was very good to have the detailed information. I think 23 it's allowed all of us to be prepared for -- for this 24 meeting and this action item. 25 Are there other comments?</p>

Verbatim Transcript of Monthly Council Meeting - 10/19/2021

Page 13

1 Is the -- is there anyone who would like to
 2 make a motion?
 3 MR. LIVINGSTON: Yeah, Chair Drew, I am
 4 happy to make a motion. So I would move that the
 5 Council approve the Technical Advisory Committee's
 6 recommendation that Puget Sound Energy has fulfilled the
 7 required restoration and monitoring for sage grouse
 8 mitigation, and that in conjunction with the ongoing
 9 mitigation measures, no additional action or mitigation
 10 is required.
 11 CHAIR DREW: Thank you.
 12 Is there a second?
 13 MR. YOUNG: Lenny Young, second.
 14 CHAIR DREW: Thank you.
 15 Any further comments or discussion?
 16 Okay. All those in favor of the motion,
 17 please say "aye."
 18 COUNCILMEMBERS: Aye.
 19 CHAIR DREW: The motion is adopted.
 20 Thank you and thanks to all who have
 21 participated in this work.
 22 MS. GALBRAITH: Thank you.
 23 CHAIR DREW: Next we have Centralia
 24 Generating Facility. Sorry, looking at the small print
 25 there from my perspective. Mr. Miller?

Page 14

1 MR. MILLER: Good afternoon, Chair Drew,
 2 EFSEC Council, and Staff. This is Mark Miller, the
 3 project manager representing the PacifiCorp Chehalis
 4 Generating Facility. I have one nonroutine comment for
 5 the month of September.
 6 On September 14th during the special
 7 meeting, the EFSEC Council approved PacifiCorp's request
 8 to buy water from the City of Chehalis with commitment
 9 to fund certain conservation measures. Following
 10 receipt of the approved resolution, the Chehalis
 11 facility began taking water on September 15th. The
 12 river returned to the above minimum flow of 165 cubic
 13 feet per second on the 19th of September.
 14 The Chehalis Generation Facility purchased
 15 3.91 acre feet of water from the City during this low
 16 flow period. The total approved purchase per EFSEC
 17 Resolution 350 was 20 acres.
 18 I have been in contact with the City of
 19 Chehalis mayor, Dennis Dawes, and the director of the
 20 Chehalis Basin Partnership, Kirstin Harma and
 21 [inaudible] to these entities have stipulated to the
 22 resolution prior to December 1st, 2021.
 23 Again, thank you for the Council's attention
 24 and support, and are there any questions?
 25 CHAIR DREW: Thank you. And thank you for

Page 15

1 the correction.
 2 Are there any questions for Mr. Mark Miller
 3 from the Chehalis Generating Facility?
 4 I know it's been quite an interesting
 5 process here, and appreciate the work that everyone's
 6 put in to make this a success and ensure the right
 7 things are done for the continued operation of your
 8 facility and also for the Chehalis Basin. So thank you.
 9 MR. MILLER: Thank you.
 10 CHAIR DREW: Moving on to the Grays Harbor
 11 Energy Center, Mr. Sherin.
 12 MR. OVERTON: Chair Drew, I have a quick
 13 update on the Chehalis --
 14 CHAIR DREW: Oh --
 15 MR. OVERTON: -- status.
 16 CHAIR DREW: -- yes, you do. Mr. Overton,
 17 Air Operating Permit.
 18 MR. OVERTON: Kyle Overton again, the site
 19 specialist for the Chehalis Facility. And during the
 20 September Council meeting, the EFSEC Council voted to
 21 approve the release of the Draft Air Operate- --
 22 Operation Permit renewal documents for the Chehalis
 23 Facility for a 30-day public comment period.
 24 That public community period will run
 25 through October 22nd, and then pending any comments

Page 16

1 received, it will then be released to the EPA for a
 2 45-day comment period, which will start on the 23rd of
 3 October and conclude on December 7th. And at this time,
 4 no comments have been received.
 5 That's the update I have for you. Are there
 6 any questions?
 7 CHAIR DREW: Thank you for the update.
 8 Any questions for Mr. Overton?
 9 Thank you.
 10 Now moving on to Grays Harbor Energy Center,
 11 Mr. Sherin.
 12 MR. SHERIN: Afternoon, Chair Drew,
 13 Councilmembers, EFSEC Staff. This is Chris Sherin,
 14 plant manager for Grays Harbor Energy Center, and this
 15 month I have nothing nonroutine to report.
 16 CHAIR DREW: Great. Thank you.
 17 Columbia Generating Station and WNP-1/4,
 18 Mr. Schmitt?
 19 MR. SCHMITT: Good afternoon, Chair Drew,
 20 EFSEC Council, and Staff. This is Marshall Schmitt
 21 reporting for Energy Northwest. I have one update.
 22 As previously reported during the last
 23 Council meeting, Energy Northwest submitted a written
 24 report regarding the potential release of silicone oil
 25 to the Columbia River, and then on September 29th Energy

Verbatim Transcript of Monthly Council Meeting - 10/19/2021

Page 17	Page 19
<p>1 Northwest received a written response from EFSEC 2 concluding that no further reporting is required 3 regarding this event. 4 I have no other updates for Columbia 5 Generating Station nor Washington Nuclear Project 1/4. 6 CHAIR DREW: Thank you. 7 Columbia Solar, Mr. Hurd? 8 MR. HURD: Good afternoon, Chair Drew, 9 Councilmembers, and EFSEC Staff. This is Owen Hurd from 10 TUUSSO Energy reporting on the Columbia Solar Project. 11 A brief construction status update. 12 At Penstemon, all modules have been 13 delivered, installation is underway. We've just 14 received torque tubes, which has been stuck in the Port 15 of Seattle, but they're now being installed and the 16 interconnection work is underway. 17 On Camas, all modules have been delivered 18 and installation will generally follow Penstemon. We 19 are still waiting on delivery of torque tubes, which a 20 portion of them are still stuck in the Port of Seattle. 21 On Urtica, which is -- follows behind that, 22 we're focussing on resolving pile refusals, which have 23 been higher than expected, and we'll be trying some 24 different approaches next week including first drilling 25 pile holes.</p>	<p>1 In terms of environmental compliance, we're 2 hydroseeding this week on -- partially hydroseeding this 3 Penstemon this -- this week as a means of keeping dust 4 under control. Golder and Northwest Code have continued 5 their ongoing inspections. Nothing there to report, and 6 nothing to report on safety. 7 On other items, we met with Department of 8 Ecology and WDFW this past week to discuss planting 9 plans, which we're working on. That's moving along. 10 We're also completing the operations phase reports and 11 getting our first TAC meeting on the calendar, which 12 we're also coordinating with EFSEC Staff on. 13 And then lastly, I just wanted to give you 14 an update on the transaction with Greenbacker. Things 15 are moving along according to plan. We're hoping to 16 close by the end of this month or -- or early next 17 month. Greenbacker's currently working on the final 18 documentation required to replace site restoration 19 national assurance currently by TUUSSO with performance 20 guarantee, and we're continuing to work with EFSEC Staff 21 and Jon Thompson to get that in final form so... 22 CHAIR DREW: Thank you. Sounds like a 23 really challenging situation that you're dealing with 24 and uncertainty as when product is going to arrive. 25 MR. HURD: Yeah, yeah. It has -- it has --</p>
Page 18	Page 20
<p>1 I will be submitting an updated kind of 2 detailed schedules as part of our quarterly update in 3 the next week or so, but in the meantime, I'll just 4 provide a little bit more color for the Council. 5 The timelines are very difficult to pin down 6 right now because of this torque tube issue. They're on 7 a critical path for completion of the projects and -- 8 and as you see in the news, there's just -- there's -- 9 the Port congestion is a big issue, so we're following 10 up every day, but we don't have a very specific ETA. 11 Generally completing Penstemon is the 12 highest priority both because of our power purchase 13 agreement and the fact that PSE is using a portion of 14 the project for their Community Solar program. As a 15 result, we've been borrowing equipment including torque 16 tubes from Urtica in an effort to keep crews busy and 17 moving along. 18 So at the moment, we expect Penstemon to 19 have permission to operate by end of the year, the final 20 testing in January and February. 21 Urtica, which will be the last to be 22 completed, I think we'll be shooting for permission to 23 operate by the end of Q1. 24 And Camas will be somewhere in between the 25 two depending on when the torque tubes arrive.</p>	<p>1 there's lot of moving parts for sure. 2 CHAIR DREW: Are there any other questions 3 for Mr. Hurd? 4 Okay. Thank you for your update. 5 Moving on to the Desert Claim Wind Power 6 Project, Ms. Moon? 7 MS. MOON: Good afternoon, Council Chair 8 Drew and members of the Council. For the record, this 9 is Amy Moon providing an update on the Desert Claim 10 Project. EFSEC Staff continue to coordinate with Desert 11 Claim; however, currently there are no project updates. 12 CHAIR DREW: Thank you. 13 Now we're moving on to Horse Heaven Wind 14 Farm with the SEPA update. Ms. Moon? 15 MS. MOON: Good afternoon, Council Chair 16 Drew and Councilmembers. Once again, this is Amy Moon 17 providing an update on the Horse Heaven Wind Project. 18 EFSEC Staff wants to provide the Council with an update 19 on the Horse Heaven Wind Project Draft Environmental 20 Impact Statement, or DEIS, schedule. 21 We have been working closely with our 22 contractor, Golder, to establish a schedule that 23 includes time for data collection, analysis of potential 24 adverse environmental impacts, mitigation analysis for 25 each element of the environment, and cumulative impacts.</p>

Verbatim Transcript of Monthly Council Meeting - 10/19/2021

<p style="text-align: right;">Page 21</p> <p>1 Preparation of the schedule included factfinding tasks 2 and establishing an annotated schedule of content, which 3 is the backbone of the DEIS. 4 Three data requests were submitted to the 5 applicant to clarify information included in the 6 application, which included questions on each element of 7 the environment. Most of the data requests have been 8 fulfilled; however, some visual esthetic data requests 9 and air emission estimates are pending with anticipated 10 completion in October. 11 At this time, the Draft Environmental Impact 12 Statement is scheduled to be issued for public comment 13 in mid May of 2022. EFSEC Staff anticipate a minimum 14 30-day public comment period. 15 This working schedule was developed with 16 several assumptions, and updates to the schedule may 17 need to be made as the DEIS process evolves. The 18 schedule is driven by the multiple complex options 19 presented within the application over a large footprint 20 and high public interest. 21 Adjudication hearings will follow the public 22 comment period to give agencies, tribal governments, and 23 the public time to review the DEIS information prior to 24 adjudication. EFSEC Staff are actively working with 25 Judge Torem to schedule the adjudication.</p>	<p style="text-align: right;">Page 23</p> <p>1 application for site certification, or ASC, for the 2 Goose Prairie Solar Project, and in conjunction with 3 that, application for consideration under expedited 4 processing was also received. 5 On August 6th, the Council voted to approve 6 the request for expedited processing after mitigated 7 determination of nonsignificance was issued on July 30th 8 and a decision on land use consistency was made on June 9 15th. 10 On September 27th, a public comment meeting 11 was held to receive public comment relating to condition 12 use criteria, and after this meeting, EFSEC Staff 13 developed a Draft Site Certificate Agreement and 14 associated recommendation to the governor for the EFSEC 15 Council's consideration. 16 WAC 463-43-080 requires Council to make a 17 recommendation to the governor within 60 days of 18 approving expedited processing. This deadline was 19 extended to October 31. 20 Once the Council has made the 21 recommendation, under WAC 463-64-030, the Governor's 22 Office would have 60 days to take on -- to take one of 23 three actions: Approval of the application and 24 executing the Draft SCA; reject the application; or 25 direct the Council to reconsider certain aspects of the</p>
<p style="text-align: right;">Page 22</p> <p>1 The issuance scheduled for the final EIS, or 2 FEIS, will be dependent on the number and content of 3 comments received. The issuance of the FEIS is 4 anticipated no sooner than the end of 2022. As work 5 progresses on the DEIS, we will be available to assess 6 the assumptions made to develop the working schedule and 7 be able to provide an update on the schedule by February 8 of 2022. 9 Does the Council have any questions? 10 CHAIR DREW: Are there any questions for 11 Ms. Moon? 12 Thank you very much for the thorough update 13 as usual. 14 MS. MOON: You're welcome. 15 CHAIR DREW: We are now moving on to the 16 Goose Prairie Solar Project for a project update and 17 Staff recommendation. Mr. Overton? 18 MR. OVERTON: Thank you. Again, this is 19 Kyle Overton, the site specialist working on the Goose 20 Prairie Solar Project application. 21 So in front of the Council today is a Draft 22 Site Certification Agreement and a draft recommendation 23 report to the governor. And some -- I'll do a brief 24 recap here. 25 In January 2021, EFSEC received an</p>	<p style="text-align: right;">Page 24</p> <p>1 Draft SCA. 2 If the Council chooses to approve the Draft 3 SCA and recommendation at this meeting, EFSEC Staff 4 anticipates transmitting the documents to the Governor's 5 Office on October 20th and with the 60-day review 6 timeline to run through December 19th. 7 At this time, Staff would like to request 8 the Council take action to approve the draft 9 recommendation report, which recommends approval of the 10 Goose Prairie Project, and also approve the Draft Site 11 Certification Agreement. 12 Are there any questions? 13 CHAIR DREW: Councilmembers, you have 14 received the Draft Certification Agreement and the order 15 recommending the Goose Prairie Solar Project to be 16 approved. Are there questions about the documents that 17 you have received or any clarification needed or 18 questions for the Staff? 19 I myself thought it was very thorough and 20 well prepared, so I was pleased with the package that we 21 received. 22 Is there, then, a motion to approve the 23 draft recommendation to the governor and the Draft Site 24 Certification Agreements and recommend approval of the 25 Goose Prairie Solar Project?</p>

Verbatim Transcript of Monthly Council Meeting - 10/19/2021

Page 25	Page 27
<p>1 MR. DENGEL: Rob Dengel. I move that we 2 approve the Staff's draft recommendation to the governor 3 and Draft Site Certificate Agreements and recommend 4 approval of the Goose Prairie Solar Project. 5 CHAIR DREW: Thank you. 6 Is there a second? 7 MS. KELLY: Kate Kelly, second. 8 CHAIR DREW: Thanks. 9 Any comments or discussion about the 10 project? 11 MS. BREWSTER: This is Stacey Brewster. I 12 would like to echo, Chair Drew, your statement. Thank 13 you to the Staff for all of the well prepared 14 information and all the work you've done on this. 15 CHAIR DREW: Thank you. 16 Any other comments? 17 MR. DENGEL: This is Rob Dengel. I will 18 just note that this was a very well put together, 19 straightforward project with proper mitigation given its 20 scope. So kudos to Staff. 21 CHAIR DREW: Thank you. One Energy, kudos 22 to One Energy. Oh, and you said to Staff and also to 23 One Energy Renewables for their work on it. I'm adding, 24 sorry about that. 25 Any other comments?</p>	<p>1 CHAIR DREW: And I vote aye. 2 Thank you. That looks like a unanimous 3 recommendation to me. Thanks again, everyone, for your 4 work. 5 We have a couple other items for the good of 6 the order or perhaps just additional items on our 7 agenda. And we do have a new project that has been 8 submitted to us for review and that is Badger Mountain. 9 And Sean Chisholm will tell us a little bit about it 10 and what the schedule is. 11 Mr. Chisholm? 12 MR. CHISHOLM: Hello, Chair Drew and other 13 respected members of the Council. For the record, this 14 is Sean Chisholm, site specialist of the Badger Mountain 15 Solar Project. I just wanted to say that we have 16 received an application for Badger Mountain Solar 17 Project October 7th of 2021. The application can be 18 found at the EFSEC website. Staff are beginning to 19 review and work on establishing coordination of agencies 20 and other parties. 21 CHAIR DREW: Thank you. And I know already 22 that Ms. Owens is looking for a time where we can 23 schedule the public informational meeting and land use 24 hearing, and she has been pulling members, and we will 25 be getting back to you in a short time about scheduling</p>
Page 26	Page 28
<p>1 Well, I do know that this has been a project 2 that as others have said as well was well put together 3 and also a lot of work put in by Staff as well as the 4 agencies, particularly Fish and Wildlife, and the 5 applicant to resolve issues and to work through issues 6 throughout the process. 7 So I'm very pleased to ask for a roll call 8 vote on this motion for the recommendation to be 9 forwarded to the governor for approval of the Goose 10 Prairie Solar Project. Ms. Owens -- 11 MS. OWENS: Department of Commerce? 12 CHAIR DREW: -- will you call the roll? 13 MS. OWENS: Department of Commerce? 14 MS. KELLY: Aye. 15 MS. OWENS: Department of Ecology? 16 MR. DENGEL: Aye. 17 MS. OWENS: Department of Fish and Wildlife? 18 MR. LIVINGSTON: Aye. 19 MS. OWENS: Department of Natural Resources? 20 MR. YOUNG: Aye. 21 MS. OWENS: Utilities and Transportation 22 Commission? 23 MS. BREWSTER: Aye. 24 MS. OWENS: Department of Transportation? 25 MR. SAURIOL: Aye.</p>	<p>1 that next meeting as well. 2 Moving on to the second quarter cost 3 allocation, Ms. Bumpus. 4 MS. BUMPUS: Oh, good afternoon, Chair Drew, 5 and Councilmembers. Thank you very much. For the 6 record, this is Sonia Bumpus. My only update for you 7 today is just on the second quarter fiscal year 2022 8 nondirect cost allocations. So I will just read these 9 off very quickly here. 10 For Kittitas Valley Wind Power Project, 5 11 percent; for Wild Horse Wind Project, 5 percent; 12 Columbia Generating Station, 26 percent; Columbia Solar, 13 11 percent; WNP-1, 3 percent; Whistling Ridge, 3 14 percent; Grays Harbor 1&2, 9 percent; Chehalis 15 Generation Project, 10 percent; Goose Prairie Solar, 7 16 percent; Horse Heaven Wind Farm Project, 12 percent; and 17 our new Badger Mountain Project, 6 percent. And that 18 concludes my update on the nondirect cost allocation. 19 CHAIR DREW: Thank you. 20 With that, our meeting for today is 21 adjourned. Thank you all for your participation. 22 (Adjourned at 2:03 p.m.) 23 24 25</p>

Verbatim Transcript of Monthly Council Meeting - 10/19/2021

Page 29

CERTIFICATE

STATE OF WASHINGTON
COUNTY OF THURSTON

I, Tayler Garlinghouse, a Certified Shorthand Reporter in and for the State of Washington, do hereby certify that the foregoing transcript is true and accurate to the best of my knowledge, skill and ability.



Tayler Garlinghouse
Tayler Garlinghouse, CCR 3358